

## UNITED STATES OF AMERICA

+ + + + +

## CHEMICAL SAFETY AND HAZARD INVESTIGATION BOARD

+ + + + +

## PUBLIC MEETING

+ + + + +

WEDNESDAY,

OCTOBER 29, 2003

+ + + + +

The meeting came to order in the Cafritz Auditorium, 800 21st Street, N.W., Washington, D.C. at 2:00 p.m., Carolyn Merritt, Chair, presiding.

PRESENT:

Carolyn Merritt	Chair
John Bresland	Member
Irv Rosenthal, Ph.D.	Member
Andrea K. Taylor, Dr. P.H., MSPH,	Member
Charles Jeffress	Chief Operating Officer
Chris Warner, Esq.	General Counsel
Lisa A. Long	Chemical Incident Investigator
Mark Kaszniak	Chemical Incident Investigator

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

## A-G-E-N-D-A

Welcome and Introductions, Carolyn Merritt, Chairman	3
Presentation of Case Study on Catalyst Systems	
Lisa Long, Lead Investigator .....	8
Mark Kaszniak, Investigator .....	14
Questions, Board Members .....	29
Public Comments .....	45
Discussion of Report and Vote, Board Members .....	46
Administrative Issues, Chris Warner, General Counsel	47
Status of Open Investigations, Charles Jeffress, Chief Operating Officer .....	49
Closing Remarks, Carolyn Merritt .....	56

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 P-R-O-C-E-E-D-I-N-G-S

2 2:01 p.m.

3 MS. MERRITT: Good afternoon and welcome  
4 to this public meeting of the U.S. Chemical Safety  
5 Board. I'm Carolyn Merritt, Chairman of the Board.  
6 With me today are our other board members, Dr. Taylor,  
7 Mr. Bresland, Dr. Rosenthal, and also Charles Jeffress  
8 who is our COO and Chris Warner who is our General  
9 Counsel.

10 Our fifth board member, Jerry Poje, is not  
11 here today. He is testifying on another important  
12 issue in New York as a matter that came out from the  
13 Kaltech investigation with regard to revising the city  
14 fire codes. He is testifying before the New York City  
15 Council.

16 Today's meeting is being videotaped for  
17 rebroadcast tomorrow on the agency's website at  
18 csb.gov. I extend a cordial welcome to all of you  
19 here, as well as to our visitors, on the world wide  
20 web.

21 So that our proceedings are not disturbed  
22 if you would please turn off your mobile phones or put

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1       them on vibrate.       Then also in the event of an  
2       evacuation emergency in this building, fire exits are  
3       in the back of the auditorium and then this door also  
4       exits for fire evacuation.

5               Our main subject today is the reactive  
6       chemicals explosion that occurred at Catalyst Systems  
7       plant in Gnadenhutten, Ohio, on January 2nd of this  
8       year.   This is the second public meeting in as many  
9       weeks on a serious reactive incident which has  
10      occurred following the release of the board's report  
11      last year on hazards of uncontrolled reactive chemical  
12      events.

13              The board made recommendations last year  
14      that OSHA and EPA improve their regulatory coverage of  
15      reactive hazards.   I applaud OSHA and EPA for their  
16      renewed attention to the problem of uncontrolled  
17      chemical reactions.

18              In the last several days OSHA has released  
19      a useful guidance document available on its website  
20      and is providing free of charge the Center for  
21      Chemical Process Safety's book, Essential Practices  
22      for Managing Chemical Reactivity Hazards.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           The incident at Catalyst Systems which  
2 injured one person and caused substantial property  
3 damage underscores once again why industry and  
4 government should strengthen controls on processes  
5 that involves reactive chemicals and mixtures.

6           There is a particularly acute need for  
7 outreach to smaller businesses that are often unaware  
8 of good engineering or control practices and who do  
9 not recognize the hazards in the materials that they  
10 are handling. We investigate the results of these  
11 failures which often have tragic consequences.

12           The CSB encourages chemical vendors and  
13 business associations to help small business and  
14 distribute this resource and to strengthen the  
15 compliance mechanisms for voluntary reactive hazard  
16 programs in small business as well as large  
17 corporations.

18           Better guidance, education, and  
19 enforcement are all welcome measures. Nevertheless,  
20 the board continues to believe that new rulemaking  
21 will ultimately be required before a substantial  
22 reduction in reactive incidents is going to be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 realized.

2 Our format for today is going to be, as  
3 usual, first we will hear the presentation by the  
4 staff and our investigators on the Catalyst Systems  
5 explosion, followed by a period of board questions.  
6 At that point we'll have an opportunity for public  
7 comment. Any commentators should please register at the  
8 sign-in table in the lobby and comments should be held  
9 to three minutes or less.

10 After public comment we expect to proceed  
11 to a vote on the case study report on Catalyst  
12 Systems. That will be followed by an administrative  
13 update and an update on remaining open investigations.

14 Are there any other comments or opening  
15 statements from any of the board members? If no, then  
16 I would like to ask Mr. Jeffress to introduce the  
17 investigation team.

18 MR. JEFFRESS: Thank you, Madam Chairman.  
19 The incident at Catalyst Systems was investigated by  
20 a team of two folks. Lisa A. Long was the lead  
21 investigator. Mark Kaszniak accompanied her. The two  
22 of them have done the analysis and written a report

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and they will be presenting the report to us.

2 Lisa Long, who is the lead investigator,  
3 has been with the agency for three years. She has  
4 served as lead investigator not only on this  
5 investigation but also on Georgia Pacific that we  
6 concluded last year about this same time.

7 Prior to joining the agency Ms. Long spent  
8 11 years in private industry in various positions and  
9 plant operations, management safety, process  
10 engineering. She holds a BS degree in chemical  
11 engineering from Virginia Tech.

12 Mark Kaszniak, who has been assisting the  
13 investigation and will be assisting today, joined the  
14 agency last year following a 20-year career in health  
15 and safety. He served as Director of Health and  
16 Safety for IMC Global Corporation, as is a Corporate  
17 Safety Manager for Vigoro Corporation, as a Senior  
18 Safety and Health Administrator for Morton  
19 International, and for eight years served as an OSHA  
20 Safety Engineer investigating numerous fires and  
21 explosions during that tenure. He is a certified fire  
22 and explosion investigator and has a B.S. in chemical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 engineering from Illinois.

2 Lisa, you want to start?

3 MS. LONG: Thank you, Charles. Good  
4 afternoon, board members. At 11:55 a.m. on January 2,  
5 2003, a vacuum dryer holding benzoyl peroxide exploded  
6 at Catalyst Systems, Inc., production facility in  
7 Gnadenhutten, Ohio. Employees were drying 75 percent  
8 granular benzoyl peroxide to make 98 percent when the  
9 explosion occurred.

10 One Catalyst Systems employee received a  
11 minor injury while evacuating. All other employees  
12 evacuated safely. The explosion and subsequent fire  
13 caused significant damage to the BPO production  
14 building.

15 This incident was a reactive incident. A  
16 reactive incident is a sudden event involving an  
17 uncontrolled chemical reaction with significant  
18 increases in temperature, pressure, or gas evolution  
19 that has caused or has the potential to cause serious  
20 harm to people, property, and the environment.

21 In September 2002 CSB completed a major  
22 hazard investigation of reactive hazards entitled

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Improving Reactor Hazard Management. The  
2 investigation found that reactive hazards need to be  
3 better managed to prevent these incidents. The  
4 January 2 incident at Catalyst Systems reiterates the  
5 need for better management of reactive hazards.

6 Catalyst Systems is a subsidiary of U.S.  
7 Chemical and Plastics, Inc. It's only facility is  
8 located in Gnadenhutten, Ohio. Gnadenhutten is about  
9 110 miles northeast of Columbus.

10 Catalyst Systems manufactures several  
11 grades and concentration of BPO at this facility.  
12 These include a paste containing 50 percent BPO,  
13 granular 75 percent BPO, and granular 98 percent BPO.

14 The paste has a consistency similar to toothpaste  
15 while the granular material looks similar to beach  
16 sand.

17 U.S. Chemical and Plastics is a subsidiary  
18 of Alco Industries which is a private company that  
19 owns 13 diversified companies including U.S. Chemical  
20 and Plastics. U.S. Chemical and Plastics makes repair  
21 and maintenance products for marine, aviation, and  
22 automobiles.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1                   This is a picture of the U.S. Chemical and  
2                   Plastics Gnadenhutten facility. It employs 25 people.

3                   Catalyst Systems operations are located in Building 2  
4                   and employs less than half of these workers.

5                   The substance involved in this explosion  
6                   was benzoyl peroxide or BPO. BPO is used for a range  
7                   of things such as plastics manufacturing, automotive  
8                   repair products, dental resins, and even acne  
9                   medication. Of course, the concentration of BPO in  
10                  acne medication is very low, typically five to 10  
11                  percent.

12                  BPO belongs to a group of chemicals known  
13                  as organic peroxides. A peroxide is any compound with  
14                  an oxygen to oxygen or proxy bond and an organic  
15                  peroxide has an organic or carbon containing molecule  
16                  attached to one of the oxygens.

17                  The peroxide bond is weak and this causes  
18                  organic peroxides to be unstable and sensitive to  
19                  shock, impact, and friction. The temperature at which  
20                  a peroxide will undergo a rapid and violent  
21                  decomposition is known as the self-accelerating  
22                  decomposition temperature, or SADT. This value is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 specific to the container and process conditions and  
2 when dealing with organic peroxides, it's a very  
3 important value to know.

4 Organic peroxides are not as energetic as  
5 conventional explosives but when they decompose they  
6 can still be very destructive. The degree of hazard  
7 posed by organic peroxide varies by concentration and  
8 can be reduced by dilution. The National Fire  
9 Protection Association, or NFPA, divides organic  
10 peroxides in their solutions into hazard classes based  
11 on reactivity and destructive effects.

12 This table list the NFPA hazard  
13 classifications for selected concentrations of BPO.  
14 The table clearly illustrates the effective delusion  
15 or concentration on BPO. Catalyst Systems was  
16 significantly increasing the hazard of 75 percent BPO  
17 by increasing it to reach a concentration of 98  
18 percent.

19 Catalyst Systems began producing 98  
20 percent BPO about five years ago. In June 2001 they  
21 modified their process and began using a jacketed  
22 glass lined vacuum dryer they purchased from a used

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 equipment manufacturer.

2 This is a picture of a vacuum dryer  
3 similar to the one being used at Catalyst Systems.  
4 When a system is dried under vacuum as in a vacuum  
5 dryer, the temperature at which water evaporates is  
6 lower. This allows the material to be dried at a  
7 lower and usually safer temperature.

8 The BPO dryer was installed in the paste  
9 room of Building 2 shown here. This diagram also  
10 shows the location of the lunch table and several  
11 exists. We will be referring back to this diagram  
12 throughout the presentation.

13 I'm going to use this diagram to explain  
14 Catalyst Systems 98 percent BPO process. First, a  
15 vacuum dryer would be loaded with 200 pounds of 75  
16 percent BPO. Hot water was circulated through the  
17 dryer's jacket to indirectly heat the BPO.

18 The dryer rotated slowly causing the BPO  
19 to tumble and heat it evenly. The dryer's atmosphere  
20 was placed under vacuum. The vacuum system pulled air  
21 and water vapor from inside the dryer through a poly  
22 propylene bag filter, then a separator, and finally to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a water suction vacuum pump.

2 The hot water circulating through the  
3 jacket was supplied by the building's heating system.

4 There were three automatic valves installed in the  
5 piping. When operating normally, valves V1 and V2 are  
6 open and valve V3 was closed allowing hot water to  
7 circulate through the dryer's jacket.

8 The temperature control system used a  
9 temperature probe to determine when to open and close  
10 the hot water valves. When the probe reached 42  
11 degrees C the inlet and outlet lines closed and the  
12 bypass lines opened which stopped the hot water from  
13 circulating through the jacket.

14 Catalyst Systems personnel worked eight  
15 hours a day, five days a week, and they only processed  
16 a 98 percent BPO during these working hours. A  
17 typical batch took two to two and a half days to dry  
18 from 75 to 98 percent.

19 The drying system was started in the  
20 morning, went through several heating cycles until  
21 about 2:00 p.m. when the hot water was shut off for  
22 the evening. The dryer, however, continued to rotate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 until about 3:30 p.m. when the entire system would be  
2 shut down for the evening.

3 On the second day of drying the same  
4 procedure was followed. On the morning of the third  
5 day the cover would be removed and a sample taken for  
6 analysis. If the concentration was at 98 percent, the  
7 dryer would be unloaded. Otherwise, the BPO would be  
8 put through additional heating cycles.

9 The 98 percent BPO was emptied from the  
10 dryer and packaged in one-pound plastic bags. The  
11 dryer was cleaned after every second batch by rinsing  
12 with water and allowing it to air dry.

13 Now Mark Kaszniak will describe the  
14 incident details, identify potential initiating  
15 scenarios, and review safe handling practices.

16 MR. KASZNIAK: Thank you, Lisa. Good  
17 afternoon, board members. As Lisa previously  
18 explained, it normally takes two and a half eight-hour  
19 work shifts to dry a batch of BPO from 75 percent to  
20 98 percent concentration. In this case, the batch was  
21 dried for two and a half work shifts but over a six-  
22 day period with two interruptions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1                   Drying was first stopped for a weekend and  
2 then again for the New Year's holiday. When not being  
3 dried the BPO remained sealed in the dryer. On the  
4 morning of the day the explosion occurred, the dryer  
5 was opened up and a sample was taken.

6                   Lab analysis determined that the  
7 concentration of BPO in the dryer was 97 percent. The  
8 dryer was closed up and the BPO was subjected to  
9 another heating cycle. When this cycle was complete,  
10 the hot water was shut off but the dryer continued to  
11 rotate.

12                   During the lunch break an employee heard  
13 an unusual noise coming from the vacuum pump. He  
14 decided it wasn't serious and that he would attend to  
15 it after he finished his lunch. During the lunch  
16 break there were only four employees in Building 2.  
17 They were sitting around the lunch table in the  
18 northeast corner of the paste room.

19                   As you can see from the diagram here, the  
20 lunch table is approximately 30 to 35 feet east of  
21 where the dryer was rotating. At 11:55 a.m. the dryer  
22 exploded. Upon hearing and seeing the explosion, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 four employees immediately exited the paste room  
2 through the doorway directly east of the lunch table  
3 as is shown in the photo. While evacuating the  
4 employee closest to the explosion received a minor  
5 laceration to his arm probably from flying debris.

6 This photo shows explosion damage in the  
7 northwest corner of the paste room, the area where the  
8 dryer was located. The force generated during the  
9 explosion caused the spherical portion of the dryer,  
10 which ways about 3,200 pounds empty, to break free  
11 from the cradle on which it rotated.

12 The dryer then burst through the wall that  
13 separated the paste room from the BPO manufacturing  
14 area. It was fortunate that the explosion occurred  
15 during the lunch break and that the force of the  
16 explosion was directed to the north and to the south  
17 while the four employees evacuated to the east.  
18 Otherwise, more serious injuries or fatalities may  
19 have resulted.

20 Also, note the overturned cradle of the  
21 dryer located in the bottom center of this photo. It  
22 was pulled about four to five feet north pass the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 doorway from where it was originally positioned. The  
2 cradle, which also weighs about 3,200 pounds, was not  
3 anchored to the floor but was attached to water pipes  
4 and electrical conduit as shown in the photo.

5 This photo shows the southwest corner of  
6 the BPO manufacturing area, the other side of the wall  
7 from the previous photo. After bursting through the  
8 wall, the spherical portion of the dryer plowed  
9 through two parallel rows of pallets loaded with full  
10 fibre drums stacked four high.

11 The rotary dryer came to rest on the floor  
12 of the BPO manufacturing area near the west wall as  
13 shown in this photo. It traveled about 35 feet as  
14 measured from the overturned cradle.

15 Based on our interviews and examination of  
16 the explosion scene, CSB determined that the explosion  
17 originated inside the dryer. The explosion most  
18 likely resulted from the thermal decomposition of 98  
19 percent benzoyl peroxide. Decomposition is a chemical  
20 reaction that leads to breakdown of a chemical into  
21 smaller molecules or elements while liberating energy  
22 and gases.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1                   When BPO decomposes heat is produced and  
2 oxygen and flammable gases are generated. The heat  
3 produced causes further decomposition. This causes  
4 the decomposition reaction to self-accelerate. As the  
5 BPO decomposed inside the closed dryer, the gases  
6 created pressure inside the dryer. This pressure  
7 built up until the feed port lid and the clamps  
8 attaching it failed.

9                   After the wood failed the gases expanded  
10 out through the feed port. This generated a force on  
11 the dryer which caused the spherical portion to break  
12 free from its cradle and propelled it like a rocket  
13 through the wall and the pallets and drums stored  
14 behind it.

15                   In this close-up photo of the spherical  
16 portion of the dryer, you can see that it is intact.  
17 You will notice that it has been scraped but very  
18 little fire damage. The lid that was clamped over the  
19 feed port is missing.

20                   CSB observed that the glass lining inside  
21 the dryer was cracked and very little BPO residue  
22 remained. This indicates that the BPO was either

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 consumed or expelled by the force of the explosion.

2 Also note the damage to the bearing on the  
3 right side which clearly shows that it was torn free  
4 by force from its cradle. These two photos show the  
5 damage to the feed port lid. The lid was found in the  
6 storage area of the paste room about 10 to 15 feet  
7 south from where the dryer was originally positioned.  
8 As you can see from the photos, the lid was bent  
9 outward by the force of the explosion and the  
10 connecting clamps were severely damaged.

11 After exiting the dryer, the gases  
12 expanded into the paste room. As it was winter and  
13 the doors were closed, the increased pressure inside  
14 the room blew out the west and south walls. The  
15 flammable gases ignited causing a fire inside the  
16 paste room.

17 This photo shows the explosion and fire  
18 damage to the west wall of the paste room south of  
19 where the dryer was installed. As you can see, the  
20 pressure generated by the explosion has blown out the  
21 metal corrugated wall. Also note that some of the  
22 stored fibre board drums in this area were burned

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 away.

2           These drums contain 50 percent BPO paste  
3 which is spilled out onto the floor. This graphically  
4 illustrates the difference in hazards posed by a class  
5 one organic peroxide versus a class four organic  
6 peroxide as Lisa previously discussed.

7           This photo is an exterior view of the  
8 south wall of Building 2. Note that the corrugated  
9 metal panels were blown off by the force of the  
10 explosion with the greatest damage on the west end.  
11 Also, the building numbers and the overhead door were  
12 damaged.

13           What initially caused the 98 percent BPO  
14 to thermally decompose? CSB was unable to  
15 conclusively determine the specific initiating event  
16 that led to the BPO thermal decomposition but a number  
17 of possible initiating events were evaluated. While  
18 evidence indicates some of these events to be more  
19 likely than others, all of the events I'm about to  
20 discuss could have led to the BPO thermally  
21 decomposing inside the dryer.

22           As Lisa will discuss later, all of these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 initiating events can be traced back to inadequacies  
2 in system design due to a lack of management systems.

3 Again, as Lisa pointed out earlier, BPO when heated  
4 above it's self-accelerating decomposition  
5 temperature, the SADT will begin to thermally  
6 decompose.

7 CSB identified a number of possible  
8 initiating events related to heat that could have  
9 caused the BPO to begin decomposing. These include  
10 the temperature probe may have malfunctioned.  
11 Although the probe was calibrated when the system was  
12 installed about two years ago, it had not been  
13 inspected or maintained since then.

14 A hot spot may have developed in the BPO  
15 in the dryer. A clump of BPO may have adhered to the  
16 wall or formed in the dryer as it slowly rotated and  
17 then overheated. The vacuum pump may have failed. If  
18 the vacuum pump failed, it would have resulted in the  
19 loss of evaporative cooling causing heat to build up  
20 inside the dryer. The BPO may have been heated in the  
21 dryer too long. As I mentioned earlier, the 2.5 work  
22 shift drying cycle occurred over a six-day period.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1           As BPO is highly reactive and sensitive to  
2 sparks, friction, and shock, there are other possible  
3 initiating events that could not be ruled out by CSB.

4       These included contamination of BPO in the dryer.  
5 Contamination of BPO may cause it to decompose at a  
6 lower temperature.

7           Foreign material could have been  
8 introduced into the dryer from the previous batch when  
9 the current batch was being loaded or when the QC  
10 sample was taken. Contamination could also have  
11 occurred if the BPO contacted the metal shell of the  
12 dryer. Employees noted that chips had developed in  
13 the glass lining over the past two years of operation  
14 that had not been repaired. If the chip area exposed  
15 the metal shell of the dryer, then the BPO may have  
16 contacted it.

17           Static electricity could also have  
18 accumulated in the dryer and generated the spark.  
19 Static electricity could have been generated as moist  
20 air laden with fine BPO particles passed through the  
21 poly propylene filter. Or if clumps had developed  
22 inside the dryer as the BPO tumbled. Finally,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 friction could have occurred as the dryer rotated or  
2 if clumps again had formed and were being tumbled.

3 All of the potential initiating events  
4 that I have just outlined are well known and discussed  
5 in various standards and guidelines pertaining to BPO  
6 and organic peroxides in general.

7 The CSB case study has an annotated  
8 bibliography containing references which discuss  
9 organic peroxide hazards including descriptions of  
10 prior explosions, as well as recommendations for safe  
11 storage and handling.

12 In this bibliography there are references  
13 that deal specifically with benzoyl peroxide such as  
14 the ones listed here published by the National  
15 Institute of Occupational Safety and Health and the  
16 Manufacturing Chemist Association.

17 The bibliography also list references  
18 pertaining to organic peroxides in general such as  
19 those listed by the National Fire Protection  
20 Association, Factory Mutual Global Loss Prevention,  
21 and the Society of Plastics Industry, Organic Peroxide  
22 Producer Safety Division.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1                   Finally, there are references that address  
2 process safety management systems such as those  
3 developed by the American Institute of Chemical  
4 Engineers, Center for Chemical Process Safety. The  
5 previously mentioned references outline safe handling  
6 practices to be used when storing and handling BPO and  
7 other organic peroxides. In general these standards  
8 recommend that safeguards be put in place to avoid BPO  
9 decomposition including methods to prevent  
10 overheating, confinement, and contamination.

11                   Safeguards also need to be in place to  
12 prevent initiating a thermal decomposition by sparks,  
13 friction, and/or shock. This includes installing  
14 appropriate electrical wiring in areas where BPO is  
15 processed and adequate grounding of BPO processing  
16 equipment.

17                   Lisa Long will not return to the podium to  
18 discuss management and process safety and present the  
19 conclusions of this case study.

20                   MS. LONG: Process safety management is  
21 the application of management systems to control  
22 hazards and prevent catastrophic incidents. It is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 considered to be good practice in operations that  
2 process hazardous materials. The core elements of a  
3 good process safety system are described by CCPS in  
4 their book, "Guidelines for Technical Management of  
5 Chemical Process Safety" that was mentioned earlier by  
6 Mark.

7 Catalyst Systems did not have a process  
8 safety management program in place and employees were  
9 not trained in the use of these management systems.  
10 During our analysis we determined that lack of  
11 management systems contributed to the January 2nd  
12 incident.

13 A reactive hazard evaluation is a formal  
14 way to identify and quantify hazards caused by  
15 chemical reactivity. It can be used to quantify the  
16 magnitude of a hazard in order to determine safe  
17 operating limits and other necessary safeguards.  
18 Catalyst Systems did not complete a formal reactive  
19 hazard evaluation for their BPO process.

20 They did gather some publicly available  
21 data on 98 percent BPO but they did not evaluate BPO  
22 in conditions specific to their process. If they had

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 determined the SADT, or self-accelerating  
2 decomposition temperature for their process, they  
3 would likely have found that it was lower than that  
4 found in the literature for one-pound bags.

5 The vacuum dryer was set to rotate slowly  
6 enough to prevent the build-up of static friction and  
7 the dryer base was grounded. However, the electrical  
8 wiring was not in accordance with the standards as  
9 Mark described earlier and Catalyst Systems did not  
10 determine whether static charges accumulating in the  
11 dryer would be able to dissipate.

12 A process hazard analysis is a systematic  
13 way of analyzing hazards and their consequences.  
14 Catalyst Systems could have used the process hazard  
15 analysis to determine whether safeguards for  
16 previously identified hazards such as reactivity,  
17 static and friction sensitivity were adequate to  
18 prevent incidents such as the one which occurred on  
19 January 2nd.

20 A pre-start up safety review completed  
21 prior to starting up a new process should ensure that  
22 equipment is properly installed and operates as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 intended. During installation of the BPO system  
2 employees were unable to install some intended  
3 redundancy in the hot water valves. A pre-start up  
4 safety review would have determined whether or not  
5 this change compromise safe operation.

6 Although the operators appeared to have  
7 good knowledge of normal system operation, there were  
8 no written operating procedures. Additionally, there  
9 were no procedures for abnormal situations. Operating  
10 and maintenance procedures should be written and  
11 include instructions for dealing with abnormal  
12 situations. For example, the procedure should have  
13 detailed what to do if a chip was found in the glass  
14 lining of the dryer or the vacuum pump made unusual  
15 noises.

16 Of course, once procedures are developed,  
17 employees should be trained on both normal operation  
18 and how to respond and react or how to recognize and  
19 react to abnormal conditions.

20 The Occupational Safety and Health  
21 Administration's, or OSHA's, Process Safety Management  
22 Standard, PSM, was intended to protect workers from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 releases of highly hazardous chemicals including  
2 reactive chemicals. Ninety-eight percent BPO is  
3 covered by OSHA's Process Safety Management Standard  
4 because of its reactivity. However, Catalyst Systems'  
5 process was not covered because they kept less than  
6 the 7,500 pound quantity required for coverage by the  
7 PSM standard.

8 Ninety-eight percent BPO is very hazardous  
9 regardless of the regulatory coverage. As we have  
10 demonstrated throughout this presentation, good  
11 engineering practices, safe handling guidelines, and  
12 management systems could have helped to prevent this  
13 incident.

14 The explosion at Catalyst Systems was most  
15 likely the result of a thermal decomposition of 98  
16 percent BPO. As Mark pointed out earlier, the hazards  
17 of BPO are well known and documented in numerous  
18 standards and guidance documents. Catalyst Systems  
19 should have used good engineering practices in  
20 management systems to incorporate the hazards of BPO  
21 into the design and operation of its drying system.

22 That concludes our presentation. Before I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 take questions, I would like to acknowledge those who  
2 assisted us in the investigation. First of all,  
3 Catalyst Systems cooperated with CSB throughout the  
4 investigation and has helped the entire process go  
5 smoothly.

6 The Society of Plastics Industry provided  
7 us with valuable information on organic peroxides and  
8 benzoyl peroxide specifically. Hazards Research  
9 Corporation was consulted for expert opinion on BPO  
10 and other organic peroxides. OSHA conducted an  
11 independent investigation of this incident and  
12 reviewed our case study for factual accuracy.

13 We'll now take questions.

14 MS. MERRITT: Thank you. Dr. Taylor.

15 DR. TAYLOR: Thanks for the presentation,  
16 Lisa and Mark. I have just one question currently.  
17 In your presentation you mentioned that they had no  
18 written operating procedures. Were the employees  
19 aware of the potential hazards associated with drying  
20 the BPO and were material safety data sheets on site  
21 to let them know exactly what the problem would be?

22 MS. LONG: The employees had a pretty good

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 awareness of the hazards of benzoyl peroxide,  
2 especially at lower concentrations because the company  
3 had been in business for about 25 years making 75  
4 percent. They understood that 98 percent was  
5 hazardous and there were MSDSs available. I'm not  
6 sure if they understood what they needed to do to  
7 prevent all the hazards.

8 DR. TAYLOR: As a follow-up to that you  
9 said this dryer was put into place two years ago. Is  
10 there another dryer on site that they used prior to  
11 that?

12 MS. LONG: This dryer had been in service  
13 for about a year. Before that they used an open oven  
14 type dryer.

15 DR. TAYLOR: Oh, I see. Okay. Thank you.

16 MS. MERRITT: Any other questions? Dr.  
17 Rosenthal.

18 DR. ROSENTHAL: Recently we talked about  
19 the need to do a hazard analysis and hazard  
20 identification process. This is a subjective question  
21 I'm asking you but did they employ engineers or people  
22 who would normally expect would be familiar with that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 type of analysis? Had they ever done that type of  
2 analysis?

3 MS. LONG: At the Gnadenhutten site they  
4 didn't have any engineers. None of them worked in  
5 Catalyst Systems. They did have some engineering  
6 assistance from U.S. Chemical and Plastics at their  
7 Massilon but this was sort of -- it wasn't a part of  
8 the organization.

9 It was someone they could go to if they  
10 needed help so it wasn't built into their structure.  
11 Even the people in Massilon were not really familiar  
12 with management systems and the rigor of applying  
13 management systems to the processes.

14 DR. ROSENTHAL: The materials are benzoyl  
15 peroxide from their supplier. Do they discuss the  
16 possibilities of what occurred here like being  
17 concentrated beyond a certain point or don't hold it  
18 at elevated temperatures. Do they talk in those  
19 terms?

20 MR. KASZNIAK: In this case they were  
21 purchasing 75 percent benzoyl peroxide and  
22 concentrating it to 98 percent.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. ROSENTHAL: Right.

2 MR. KASZNIAK: There's only one other U.S.  
3 manufacturer of 98 percent benzoyl peroxide and they  
4 did have the data sheet from that manufacturer on site  
5 that warned about hazards of shock friction and even  
6 temperature sensitivity of the benzoyl peroxide. They  
7 were aware of some of the hazards. Whether they  
8 recognized the magnitude of these hazards when they  
9 put 200 pounds of it in the dryer can be questioned.

10 MS. LONG: Irv, I would just add that when  
11 they designed that process, they thought about certain  
12 things like they knew they shouldn't overheat it so  
13 they had a temperature that shut off at a certain  
14 point. They were worried about static so they made  
15 sure the dryer didn't tumble that fast. They just  
16 didn't apply a rigorous systematic way to make sure to  
17 put in safeguards for all of the ways that these  
18 hazards could --

19 DR. ROSENTHAL: But other than they  
20 recorded temperature, the temperature of the shell or  
21 the material, what temperature did they actually  
22 record?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. LONG: They didn't record any  
2 temperature but they had a temperature probe inside  
3 the dryer so it would record -- I'm sorry, it would  
4 measure the temperature of the material and then cause  
5 the valves to close but it wasn't recorded or read in  
6 anyway.

7 DR. ROSENTHAL: Okay. So that was the  
8 single control instrument and it was not recorded so  
9 there was no backup, no layers of protection.

10 Last question. Going back to days of  
11 practicing powders, was there the possibility -- I  
12 find it unusual to have a lunch table in a room that's  
13 doing a chemical process just because of the  
14 possibility of dust vapors and things such as that.  
15 Was that at all discussed? I know it's not the  
16 subject of this investigation.

17 MS. LONG: We didn't really look into that  
18 further in this investigation but that was, I think,  
19 something that -- a practice that developed over the  
20 years that there was a lunch table.

21 DR. ROSENTHAL: Nice friendly place.

22 MS. MERRITT: You like to be close to your

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 work.

2 DR. ROSENTHAL: Yeah. Okay.

3 MS. MERRITT: I have a question whether or  
4 not -- I mean, handling chemicals is serious. It is  
5 just kind of a surprise to me that in this day and age  
6 there would be an organization who would have really  
7 no controls over a process that uses something that  
8 could be explosive.

9 Was Catalyst Systems a member of SOCMA or  
10 ACC or any other of the associations that helped their  
11 members understand or know about management systems  
12 and safe practices, things like that?

13 MS. LONG: No, they weren't a member of  
14 any of the trade organizations. They were a small  
15 company and they didn't see a benefit that they would  
16 get from that so they weren't a member.

17 MS. MERRITT: What about U.S. Chemical and  
18 Plastics? Were they a member, do you know, of any of  
19 these associations where they get information on  
20 safety precautions and cost benefits of running safe  
21 operations or anything?

22 MS. LONG: They weren't a member of a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 trade organization.

2 MS. MERRITT: Let's see. You said that  
3 they were not covered by process safety because the  
4 pounds didn't reach the 7,500 pounds that was  
5 necessary. Right?

6 MS. LONG: Correct. The threshold  
7 quantity was 7,500 pounds and the maximum  
8 concentration or maximum amount on site would be about  
9 2,500 pounds so they weren't covered.

10 MS. MERRITT: Did you know -- I mean, one  
11 of the things -- I mean, you said they probably were  
12 aware that when they took their sample at 97 percent  
13 that they were very close to the sensitive  
14 concentration of 98 percent. They would have been  
15 aware.

16 There weren't any precautions there  
17 knowing they were dealing with a heated 98 percent?  
18 There weren't any vacuum gauges or temperature or  
19 readouts or shutdown alarms or anything on this  
20 equipment?

21 MS. LONG: No, there wasn't any automation  
22 and they had put in the automatic shutdown of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 water valves once the temperature probe reached a  
2 certain temperature that they considered to be too  
3 high but there weren't any alarms or anything else.  
4 No readout, no recording of temperatures.

5 MS. MERRITT: When the vacuum dryer was  
6 shut down, the water was shut off but the hot water  
7 stayed in the jacket, didn't it? Or did it drain?

8 MS. LONG: Right, it would stay in the  
9 jacket. There was no means to drain the jacket so  
10 even though they would shut off the water, the water  
11 would slowly cool down with losses to ambient  
12 environment but initially it was still hot water in  
13 contact with the peroxide.

14 MS. MERRITT: Okay.

15 DR. ROSENTHAL: Is this a publicly owned  
16 or a private company?

17 MS. LONG: Privately owned company.

18 DR. ROSENTHAL: Okay. I was just  
19 wondering if their sales \$10 million, \$100 million to  
20 get some idea of their size.

21 MS. LONG: I don't know what their sales  
22 are but they are a pretty small company.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. ROSENTHAL: Okay. Do you know how  
2 many employees total?

3 MS. LONG: Twenty-five at Gnadenhutten and  
4 I'm not sure about U.S. Chemical.

5 DR. ROSENTHAL: Twenty-five at this  
6 location?

7 MR. KASZNIAK: That's correct.

8 MS. LONG: Then they had another location  
9 and I'm not sure how many people were employed there.

10 DR. ROSENTHAL: Okay.

11 MS. MERRITT: Did OSHA do an inspection  
12 after this event?

13 MR. KASZNIAK: Yes, OSHA did an  
14 inspection. In fact, they were there when we were  
15 there investigating the accident. Several months  
16 after their inspection they issued a citation. The  
17 primary citation that they issued was a general duty  
18 clause violation because, again, they determined that  
19 Catalyst Systems was under the threshold quantity for  
20 process safety management and under those standards  
21 could apply.

22 They cited them under the general duty

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 clause for the recognized hazards of benzoyl peroxide  
2 and not having put in appropriate management systems  
3 for dealing with them so they asked them as part of  
4 their abatement to conduct the process hazard  
5 analysis, install additional equipment design features  
6 on their kettles should they decide to start up this  
7 process again and other things like that. Put in  
8 written operating procedures and maintenance  
9 procedures as part of the general duty clause  
10 violation.

11 MS. MERRITT: Okay. Are there any other  
12 questions? Mr. Bresland?

13 MR. BRESLAND: Was the company fined by  
14 OSHA or did you say that?

15 MR. KASZNIAK: The company was fined by  
16 OSHA. They received I think approximately \$104,000 in  
17 penalties.

18 MR. BRESLAND: In your experience with  
19 OSHA would that be a high fine, a low fine?

20 MR. KASZNIAK: OSHA considered the case to  
21 be a significant case from their point of view and  
22 issued a press release, yes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BRESLAND: They weren't covered by the  
2 OSHA PSM standard because they had less than 7,500  
3 pounds? They had approximately 2,500 pounds on site  
4 and 200 pounds in the dryer. Does that reduce or  
5 relieve the company of their obligation to handle a  
6 hazardous chemical any less safely because it's less  
7 than the threshold quantity?

8 MS. LONG: No, obviously in our  
9 presentation we felt regardless of the quantity with a  
10 chemical like this, you have to handle it safely and  
11 follow good engineering practice and management  
12 systems. Clearly OSHA felt the same way because of  
13 the citations under the general duty clause.

14 MR. BRESLAND: When you get to 98 percent,  
15 what is the temperature that is the critical  
16 temperature for this material?

17 MS. LONG: When you have 98 percent in  
18 one-pound plastic bags, the SADT self-accelerating  
19 decomposition temperature is 68 degrees C. This  
20 temperature would be different for a larger volume.  
21 It would probably be lower than 68 for a larger  
22 volume.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BRESLAND: What was the temperature of  
2 the water that was used to heat the dryer?

3 MS. LONG: It was about 82 degrees.

4 MR. BRESLAND: Does that mean if the water  
5 is flowing through the jacket on one side and then on  
6 the other side of the jacket you have the benzoyl  
7 peroxide that some of the benzoyl peroxide would be in  
8 contact with water that is of a higher temperature  
9 than SADT?

10 MS. LONG: Depending on the heat transfer  
11 properties of the metal and the glass it is higher  
12 than the 68 degree temperature.

13 MR. BRESLAND: Would that be a normal  
14 practice for designing a system where you have that  
15 potential for the temperature higher than the danger  
16 temperature being in contact with the material?

17 MS. LONG: I would think you would want to  
18 put in safety precautions to ensure that you didn't  
19 get higher than that dangerous temperature.

20 MS. MERRITT: On the BPO dryer, was this a  
21 new dryer?

22 MS. LONG: It had been purchased used from

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a used equipment vendor.

2 MS. MERRITT: Was it previously used as a  
3 BPO dryer or was it used for something else?

4 MS. LONG: We don't know the history of  
5 the dryer. It was manufactured in Germany and used in  
6 the UK and brought over to the US. All we know is who  
7 they purchased it from here. We don't know what its  
8 prior uses were.

9 MS. MERRITT: And were there engineering  
10 drawings and electrical drawings and things that would  
11 have come with it that they could have used to  
12 identify safeguards that might be used in a process  
13 where you were going to dry something?

14 MS. LONG: There was one engineering  
15 drawing, one vessel drawing that came with it but  
16 nothing that they would get from a used equipment  
17 manufacturer would be specific to the process that  
18 they were using in drying benzoyl peroxide.

19 MS. MERRITT: This is very scary.

20 DR. ROSENTHAL: Here is it a matter of  
21 public record as to which company ensured this  
22 facility?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. LONG: I'm not sure if it's a matter  
2 of -- I know who it is. Factory Mutual.

3 DR. ROSENTHAL: I don't know if this is  
4 confidential information. It shouldn't be but I'll  
5 ask you privately. I'm just curious. You have an  
6 operation which after the fact we all clearly  
7 recognize how could you possibly do it. Yet, of  
8 course, here are workers who put their lives at risk  
9 and management and put themselves at risk.

10 First it goes through an insurance  
11 company, I presume, who presumably had experts. The  
12 question goes through your mind how come? Why do  
13 people do after the fact what appear to be silly or  
14 serious or whatever you want to call it.

15 MS. MERRITT: Scary.

16 DR. ROSENTHAL: Scary? Okay. I was going  
17 to use the word stupid but I didn't want to use that.

18 So I think in our investigations we have to go on  
19 looking for what is it that causes people to do this?

20 Is that they've operated for 20 years and nothing has  
21 happened so who knows? I just think in the future we  
22 have to keep looking -- we have been looking. Keep

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 looking for this reason why do people do what we think  
2 after the fact is silly or crazy or stupid?

3 MS. MERRITT: I didn't say that. Oh, I'm  
4 sorry. Dr. Taylor.

5 DR. TAYLOR: There are just two follow-up  
6 questions. The facility is one of only two that  
7 produce 98 percent benzoyl peroxide? Is that true?

8 MS. LONG: There's one other manufacturer.

9 MR. KASZNIAK: From our research we could  
10 only find one other manufacturer domestically of 98  
11 percent benzoyl peroxide, a much larger facility than  
12 this facility.

13 DR. TAYLOR: And the 98 percent is used  
14 for, you mentioned, for plastics manufacturing?

15 MR. KASZNIAK: It can be used for  
16 initiators and polymerization reactions. In this case  
17 this facility was using it to make automotive  
18 catalysts for marine and automotive repair operations.

19 DR. TAYLOR: So then from our report what  
20 do you think -- what would be your proposal as the  
21 staff to do with our findings? Since this is a case  
22 study, who will get this report and how will they be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 able to use it?

2 MR. KASZNIAK: Well, from our perspective  
3 while there is only a limited number of manufacturers,  
4 the key message from this report is that if you  
5 attempt to concentrate benzoyl peroxide, it's very  
6 commonly sold in the 50 to 75 percent range in this  
7 country and goes into a variety of products.

8 For those people who decide that they want  
9 to create a more concentrated product and decide that  
10 they want to explore a new market or something like  
11 that, this case study would serve as a warning that by  
12 simply concentrating this product going from a Class 3  
13 to a Class 1 increases the hazard of this product  
14 tremendously. You should not attempt to do that  
15 without proper engineering design and proper safety  
16 considerations in putting a product like that on the  
17 market.

18 MS. LONG: This is also a very good  
19 general example of the importance of management  
20 systems regardless of what --

21 DR. TAYLOR: Of what the chemical --  
22 right.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. MERRITT: It's a case study.  
2 Generally when we do a case study we do it for an  
3 event that may have what seems to be limited  
4 application with regard to possibly the chemical that  
5 was involved or the process that was involved. There  
6 are certainly management system broad issues here.

7 One of the things that I would think that  
8 we would want to do as a board in our outreach is  
9 distribute this widely to organizations who deal with  
10 small businesses or deal with small chemical  
11 facilities who might be considering this as an  
12 economical way to do business as not bothering to put  
13 in the controls or not thinking it's necessary when  
14 they are dealing with a material as dangerous as this  
15 one is. We should probably think about doing that.

16 DR. ROSENTHAL: Well, peroxides as a class  
17 are involved in a lot of serious incidents. They are  
18 widely used. They have different stabilities. People  
19 unintentionally put them under conditions where they  
20 decompose or they start deactivating very rapidly so I  
21 think a wide distribution report with perhaps some  
22 words of saying that we're looking at this particular

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 instance but organic peroxides per se have to be  
2 handled with care and formulated with care and  
3 utilized with care.

4 MS. MERRITT: Well, are there any other  
5 questions or any other comments at this point? Thank  
6 you, Ms. Long and Mr. Kaszniak. I appreciate your  
7 presentation.

8 At this time I would like to open the  
9 floor to any public comment and we have no one. No  
10 public comment. We can proceed then to asking for  
11 someone to present a motion that we accept this study.

12 Is there anyone who is willing to make that motion?  
13 Dr. Taylor.

14 DR. TAYLOR: Madam Chair, I move that we  
15 approve the CSB case study regarding a benzoyl  
16 peroxide explosion and fire that occurred on January  
17 2, 2003, at the Catalyst Systems facility in  
18 Gnadenhutten, Ohio.

19 MS. MERRITT: All right. Is there a  
20 second, please

21 DR. ROSENTHAL: I second the motion.

22 MS. MERRITT: Mr. Bresland seconds it and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Dr. Rosenthal seconds it. I guess that's a third. At  
2 this time then is there any other discussion  
3 concerning acceptance of this report that we would  
4 like to carry on as a board?

5 Dr. Rosenthal.

6 DR. ROSENTHAL: I guess -- I think the  
7 report is fine as it is. I'm just interested in  
8 finding out who had the privilege of insuring the  
9 facility. I can do that privately.

10 MS. MERRITT: All right. If there are no  
11 other comments then, I would like to again read the  
12 motion. The motion was to approve the CSB case study  
13 regarding a benzoyl peroxide explosion and fire that  
14 occurred on January 2, 2003, at the Catalyst Systems  
15 facility in Gnadenhutten, Ohio. I would like to take  
16 a oral vote.

17 Dr. Taylor.

18 DR. TAYLOR: Approve.

19 MS. MERRITT: Dr. Rosenthal.

20 DR. ROSENTHAL: Approved.

21 MS. MERRITT: Dr. Poje has the right to  
22 vote within 24 hours of this. Since he is not here

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we'll leave his vote open.

2 John Bresland.

3 MR. BRESLAND: Approved.

4 MS. MERRITT: And I approve it as well so  
5 it carries with four votes. Thank you, board, and  
6 thank you, staff. At this time I would like to turn  
7 it over to Mr. Warner who has an update for us  
8 briefly.

9 MR. WARNER: Thank you, Madam Chair. Due  
10 to Dr. Poje's absence, we do have a variety of  
11 procedural matters that we will provide to the board  
12 through our notation and voting procedure. We will  
13 provide you a document and a voting sheet and allow  
14 you time to read it and discuss it with the staff.

15 These are more sort of business procedural  
16 issues. We have a requirement to publish our  
17 organizational structure so we have a final rule for  
18 you to review just very simply going over our  
19 structure.

20 We also will have as part of our annual  
21 financial audit we'll have a letter coming to you as  
22 we have every year. The third document you'll be

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 getting this week is one on personnel policy on  
2 overtime. We made a few amendments to that policy  
3 that will be passing through for your consideration.

4 Finally, we have an investigation that is  
5 ongoing that Mr. Jeffress will describe at the CTA.  
6 We have need of doing some additional testing on  
7 equipment which will require approval because of the  
8 amounts involved and due to a continuing resolution we  
9 have to bring this to the board. Those would be the  
10 four notation items coming to you this week.

11 MS. MERRITT: Thank you. Is there any  
12 question on that? Now I would like to ask Mr.  
13 Jeffress who is going to give us a summary rundown of  
14 the current active investigations and their status.

15 MR. JEFFRESS: Thank you, Madam Chair.  
16 With this vote today you all have closed the fourth  
17 report in the past two months. The First Chemical  
18 incident in Mississippi, Kaltech in New York City,  
19 Catalyst Systems and the BLSR in Rosharon, Texas. The  
20 past two months have been very busy months for the  
21 board and for the staff.

22 With the closing of these four we still

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have seven open investigations and we also have three  
2 studies in front of us. I'm going to give for the  
3 benefit of the audience and you all a quick review of  
4 where we are on these and where we are headed on  
5 these.

6 The most recent incident was a company  
7 called Isotec in Miamisburg, Ohio, which was producing  
8 isotopes of nitrous oxide and their tower, which was  
9 actually was sunk in the ground several hundred feet,  
10 exploded causing destruction that you can see in this  
11 picture here. We have a team of three people that  
12 have been out there investigating it.

13 They have been to two meetings and will be  
14 going to another community meeting next week. It's  
15 too soon to say exactly where we're headed with this  
16 investigation but it is an unusual process, perhaps a  
17 one of a kind process and we will determine as we  
18 collect more facts where we are headed with this one.

19 Most recent is the Honeywell incident in  
20 Baton Rouge, Louisiana, August of 2003. This facility  
21 actually suffered three separate incidents over the  
22 course of a three or four week period. Lisa Long is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the lead investigator on this one as well. The  
2 picture up there is a picture of tanks. One of these  
3 tanks was mislabeled and contained chemicals that it  
4 was not intended to contain.

5 When a worker was cleaning out these tanks  
6 antimony pentachloride, I believe it was, came out of  
7 that tank and exposed the employee to that and killed  
8 the employee. That was one of three incidents.  
9 Another one involved hydrogen fluoride. The third  
10 incident was a chlorine incident at this same  
11 facility.

12 These three incidents at one facility we  
13 are investigating. As we collect information we will  
14 decide whether to report them as three separate ones  
15 or three chapters in one incident but it is one  
16 facility and that is the next most recent one.

17 Avery Dennison, a facility in Millhall,  
18 Pennsylvania, where the company was producing the glue  
19 that goes on the back of postage stamps and also on  
20 the back of file labels and other things, had a  
21 ruptured disk blow when a chemical reaction took place  
22 that they did not anticipate. They did not understand

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 their own chemistry.

2 That incident resulted in, as the press  
3 reported it, billions of sticky cobwebs descending  
4 from the sky onto the public surrounding that  
5 facility. That investigation is close to finishing.  
6 I suspect that will be finishing after the first of  
7 the year.

8 Next is DD Williamson in Louisville,  
9 Kentucky, April 12, a facility that produces caramel  
10 coloring for soft drinks and perhaps other uses as  
11 well. They had a pressure vessel that was unvented  
12 and unregistered and had been uninspected that  
13 exploded and caused the damage that you see here.  
14 This investigation is also close to completion and  
15 anticipate that completion in December.

16 MS. MERRITT: Wasn't there also one  
17 fatality?

18 MR. JEFFRESS: There was one fatality in  
19 that incident as well. This facility is Technic,  
20 Inc., in Cranston, Rhode Island, February 2003. It's  
21 an electroplating facility that actually produces  
22 chemicals for the electroplating industry. They had a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 number of different exhaust vents from various vats  
2 tied in together into one system.

3 There was an incident within that system  
4 that was an explosion and a fire resulting in severe  
5 injury to one worker and damage to the facility. In  
6 this incident our investigation is also close to  
7 completion. I expect this to be completed shortly  
8 after the first of the year.

9 The one that Mr. Warner mentioned just a  
10 few minutes ago, CTA Acoustics in Corbin, Kentucky, a  
11 dust explosion. We had a community meeting in Corbin,  
12 Kentucky. This is one of the more complex  
13 investigations we've undertaken and the one where the  
14 most people were killed. Seven people died as a  
15 result of this incident.

16 Because of the number of different parties  
17 to this investigation, completing the investigation is  
18 complicated. We will be seeking to do some testing on  
19 our own. The vote that we will bring to you will be a  
20 vote to authorize the money to do the testing on this  
21 incident. Because of the complexity of the number of  
22 parties involved, this will take some time to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 complete. I expect it will be well into next year  
2 before we complete this investigation.

3 Just prior to the Corbin, Kentucky  
4 incident there was one in Kinston, North Carolina,  
5 West Pharmaceuticals Incorporated, January 29, 2003.  
6 This was also a dust explosion, the result of dust  
7 accumulation above a false ceiling. It was not  
8 recognized by people in the plant. This investigation  
9 is well along and probably early next spring we should  
10 complete this investigation.

11 Those are the seven investigations that  
12 are open and we will continue to pursue and close in  
13 the course of time over the next year. In addition to  
14 these seven investigations there are three studies  
15 that have been authorized by the board that are in  
16 various stages of completion.

17 The first, toxic gases from sewers as a  
18 result of the Georgia Pacific investigation last fall  
19 that we closed last fall. The board asked the agency  
20 to look at the incidence involving toxic gases  
21 escaping from sewers. The result of this study, while  
22 it's not yet to you, will be to you shortly but we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have actually found few incidents where the gases came  
2 out of the sewer and caused fatalities.

3 I don't think there will be enough data  
4 here to pursue. We found lots of incidence in sewers,  
5 especially confined space kinds of incidence, but  
6 those are well studied and documented elsewhere. We  
7 did lots of incidents involving toxic gases. I think  
8 there is probably going to be insufficient data on  
9 incidents where the gas actually came out of the sewer  
10 for us to pursue much from this study.

11 The second study that we are doing also  
12 came out of the Georgia Pacific investigation and that  
13 is the handling of sodium hydrosulfide. We are close  
14 to completion on this and we have at your request  
15 looked at the MSDSs provided by manufacturers. We  
16 have looked at the handling practices.

17 We've looked at the number of incidents  
18 that have occurred with this material and we think  
19 there are several recommendations that you will want  
20 to pursue as a result of this. You will be getting  
21 this study here before the end of the year.

22 The final study which you all have

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 authorized really is an outgrowth of the Kinston and  
2 Corbin incidents. There's a study on explosive dust.

3 The staff is doing this study in conjunction with the  
4 two investigations.

5 We are well on the way in the study of how  
6 many incidents have occurred involving explosive dust  
7 in this country and in the last 20 years and we will  
8 have an analysis of those incidents as a first part of  
9 this study. Following that we will have the reports  
10 from Kinston and Corbin and we will conclude with some  
11 further research in where we should go with respect to  
12 the explosive dust.

13 Those are the seven current investigations  
14 we have open and the three studies that we have open  
15 at this point.

16 MS. MERRITT: Thank you very much. Are  
17 there any questions from the board on those?

18 DR. ROSENTHAL: Roughly what quarter of  
19 the year do you expect that the first Corbin and then  
20 the Kinston incident investigations might be done?

21 MR. JEFFRESS: West Pharmaceuticals will  
22 be the first of those two to finish. I expect that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 will be in early spring next year. March perhaps of  
2 next year.

3 DR. ROSENTHAL: So it's the second quarter  
4 of --

5 MR. JEFFRESS: Second quarter of this  
6 fiscal year. First quarter of next calendar year.

7 DR. ROSENTHAL: Okay.

8 MR. JEFFRESS: Then the Corbin  
9 investigation is likely to be next summer.

10 DR. ROSENTHAL: Okay.

11 MS. MERRITT: Thank you very much. Thank  
12 you, Charles.

13 With the completion of that report, that  
14 would conclude our business portion for our meeting.  
15 But there is one other function that I have to perform  
16 today and that is to report that today is the final  
17 meeting that will be officially attended as board  
18 members. I hope you will come back and visit us  
19 otherwise at the holiday party for Dr. Rosenthal and  
20 Dr. Taylor.

21 Both of their terms on the CSB expires in  
22 the next few days. There will be a reception for Dr.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Taylor and Dr. Rosenthal at the CSB offices at 2175 K  
2 Street this evening beginning at 5:30. Those of you  
3 who are here are certainly welcome to attend that and  
4 offer your well wishes to them. This is certainly a  
5 bittersweet event for the agency.

6 I want to say, however, that the board and  
7 the mission for which it was created as been advanced  
8 by your contribution over the last five years. Those  
9 who have followed the board from its launching to  
10 current day know that this birth was not an easy one.

11 Starting any endeavor like this is always  
12 difficult but Dr. Rosenthal and Dr. Taylor, along with  
13 Dr. Poje, persevered through this five-year period  
14 and, as a result of their hard work and their  
15 dedication to the mission of this agency to conduct  
16 excellent investigations of industrial chemical  
17 accidents and promote prevention of their recurrence,  
18 this agency has survived, it has grown, and our  
19 mission has been furthered and strengthened. I know  
20 that because of your efforts lives have been saved and  
21 that communities have been protected. I think you  
22 carry that with you forever.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           Anthony Thompson from Monsanto e-mailed us  
2 the other day with very gracious words and I would  
3 like to repeat those in that it was his compliment and  
4 his recognition that the words that he could say were  
5 well done and well done.

6           Both of these dedicated people are leaders  
7 in their own fields. They have given to the agency  
8 their time and talents and much more than can ever be  
9 given back to them in recognition, in plaque, or in  
10 honors from us.

11           But they leave the agency with our heart-  
12 felt thanks and with that of other board members and  
13 if Jerry were here I know he would have many fine and  
14 kind words to say but I think you will hear those this  
15 evening when he gets back.

16           It is also our pledge of those board  
17 members who carry on to carry on the work of the  
18 board. You will receive and have received the respect  
19 of your professional friends and acquaintances that  
20 you have made in the last five years and, as a result,  
21 the board has shined even brighter because of that.  
22 This board's work is really a labor of love and a true

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 example of public service and we thank you.

2 And with that, would anyone else have any  
3 words to say? Charles?

4 You're going to have to get the last word.  
5 You always get the last word.

6 DR. ROSENTHAL: I try.

7 MR. JEFFRESS: I'll have more to say  
8 tonight at the reception but, since this is on the  
9 record, this will be much kinder and gentler.

10 Irv, I can't think of anyone who could  
11 have given the Chemical Safety Board more stature from  
12 the outset of this board than you. I think your  
13 background and reputation in the industry brought an  
14 instant credibility to the board. I think the staff  
15 values that and is very appreciative of the kind of  
16 leadership you've shown and the kind of willingness to  
17 mentor and share with our staff and bring people  
18 along.

19 On behalf of the staff, I thank you for  
20 your leadership. I thank you for your contributions.

21 For the most part, we thank you for your extensive  
22 comments on the reports as they go along. It has been

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a real pleasure working with you and I'm sure that we  
2 will continue to hear your voice so even though you  
3 will no longer be a member of the board, we certainly  
4 expect to hear your contributions and your advice as  
5 the years go forward.

6 And to Andrea. Let me say that some of  
7 you may not realize this is the second time that  
8 Andrea has been on the board supervising my work.  
9 Like the previous time in terms of the sensitivity to  
10 what this board covers, the kinds of people that we  
11 try to protect, the kind of processes that we  
12 investigate, you bring your experience as an  
13 industrial hygienist. You bring your  
14 experience as an advocate for workers and a  
15 sensitivity to the importance of our work that serves  
16 the board well that has helped to establish a positive  
17 reputation for this board.

18 Like with Irv, I don't expect that this is  
19 the last we're going to hear from you but on behalf of  
20 the staff I want to thank you for your contributions,  
21 for your input, for your leadership, and we look  
22 forward to continuing to work with you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. TAYLOR: Thank you.

2 MR. BRESLAND: I would just like to say  
3 that it's been a pleasure. I've worked with the both  
4 of you for the last year. I've work with Irv in the  
5 past in his days back with Roman & Haas. I hadn't met  
6 Andrea until I met her for the first time about, I  
7 guess, August of last year but I have enjoyed my year  
8 and a bit working with them both and I look forward to  
9 continuing to work with you in the future.

10 I know Irv is moving on to the University  
11 of Pennsylvania. Andrea is moving on to still  
12 undecided. All sorts of opportunities but still  
13 hasn't decided which one of those she's going to take.

14 We look forward to continuing to work with you over  
15 the years. Thank you both very much for all of your  
16 efforts.

17 DR. ROSENTHAL: I just wanted to say that  
18 my problem is in spite of all the heartache and the  
19 aggravation, I enjoyed it. I think the board was an  
20 opportunity to get involved with real problems and  
21 real people and a learning experience. I look back at  
22 it as a very, very rewarding experience for which I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 guess I have to thank the citizens of the United  
2 States for giving me the opportunity.

3 DR. TAYLOR: Then I'll get the last word.

4 I have to say, too, I was going back through my files  
5 as I was packing up my things and I'm looking back to  
6 see. The board has come a long way in five years. I  
7 really feel good about being a part of this process,  
8 getting the board established to where we are today.

9 We have seven investigations that are  
10 ongoing and three reports. That was unheard of  
11 before. I wish you all the best. To the staff, thank  
12 you for listening to me. I hope that I was able to  
13 provide something to you guys. Again, I want to say  
14 keep the public in your presentations. Remember that  
15 we are an agency that respond to the public. That's  
16 why we were established. Thank you for my time. I  
17 enjoyed it.

18 MS. MERRITT: Are there any other  
19 comments? Well --

20 MR. WARNER: I would just like to make  
21 one.

22 MS. MERRITT: You get the last word.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1                   MR. WARNER: Lawyers always love the last  
2 word. Having served as the acting chief operating  
3 officer for two and a half years, very short years,  
4 but I would like to express my thanks to both Andrea  
5 and Irv. It was an exciting time. We've done an  
6 awful lot. I've learned an awful lot.

7                   Although many of you don't know Irv  
8 probably has a variety of degrees. He has a legal  
9 degree. What he doesn't have his sons and grandsons  
10 and relatives have so it's like Irv has it. I've  
11 enjoyed working with you both. But I would like to  
12 say as far as the legacy that I see from our  
13 conversations that I've had with both of you, you have  
14 always stressed that we push. It is not just the  
15 investigation. It's not going out there.

16                   It's not the reports. It's making sure  
17 that we take this message much, much further out to  
18 the communities, to the organizations, safety  
19 organizations. It's getting what we have here and  
20 translating that into prevention and making sure that  
21 it really does make a change for the better so, both  
22 of you, that is a great legacy to have.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. MERRITT: Thank you very much with  
2 that final word from our general counsel, but I'm sure  
3 we'll have more later. I would adjourn this meeting.  
4 Thank you very much.

5 (Whereupon, at 3:15 p.m. the meeting was  
6 adjourned.)

7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21